

1

2

MEETING OF

3

THE NATIONAL PETROLEUM COUNCIL

4

TUESDAY, APRIL 18, 1989

5

DOLLY MADISON BALLROOM

6

THE MADISON HOTEL

7

15TH AND M STREETS, N.W.

8

WASHINGTON, D.C.

9

9:00 A.M.

## PARTICIPANTS

1

2

EDWIN L. COX, CHAIRMAN NATIONAL PETROLEUM COUNCIL

3

HON. JAMES D. WATKINS, SECRETARY OF ENERGY

4

HON. W. HENSON MOORE, DEPUTY SECRETARY OF ENERGY

5

WILLIAM E. SWALES, CHAIRMAN COMMITTEE ON PETROLEUM,

6

STORAGE AND TRANSPORTATION

7

LODWRICK M. COOK, VICE CHAIRMAN, NATIONAL PETROLEUM

8

COUNCIL

9

HON. J. ALLENWAMPLER, ASSISTANT SECRETARY OF FOSSIL

10

ENERGY

11

MARSHALL W. NICHOLS, EXECUTIVE DIRECTOR, NATIONAL

12

PETROLEUM COUNCIL

13

QUESTIONERS FROM COUNCIL:

14

RICHARD J. GONZALEZ

15

BOB L. PARKER

16

JOHN LICHTBLAU

# C O N T E N T S

	PAGE:
1	
2	
3	CALL TO ORDER BY EDWIN L. COX, CHAIRMAN..... 4
4	REMARKS BY HONORABLE JAMES D. WATKINS,
5	SEC. OF ENERGY..... 6
6	REPORT OF THE NPC COMMITTEE ON PETROLEUM
7	STORAGE AND TRANSPORTATION, WILLIAM E. SWALES.. 42
8	CONSIDERATION OF ADMINSTRATIVE MATTERS:
9	REPORT OF THE NPC FINANCE COMMITTEE,
10	EDWIN L. COX..... 66
11	REPORT OF THE NPC NOMINATING COMMITTEE,
12	COLLIS P. CHANDLER, JR., CHAIRMAN..... 68
13	DISCUSSION OF ANY OTHER BUSINESS PROPERLY
14	BROUGHT BEFORE THE NATIONAL PETROLEUM
15	COUNCIL..... 69

1 PROCEEDINGS

2 (On at 9:02 a.m.)

3 CHAIRMAN COX: The 95th meeting of the National  
4 Petroleum Council will please come to order. You have a  
5 copy before you of the meeting's agenda. And if there is  
6 no objection, the check-in outside the room will serve as  
7 the attendance record, so that we will not call the roll,  
8 but if you did not sign-in, before entering the room,  
9 please do as you leave.

10 I would like to introduce the persons seated at  
11 the head table. On my far left is Allen Wampler, who is  
12 the Assistant Secretary for Fossil Energy. And next to  
13 Allen, is Bill Swales, Chairman of the NBC Committee on  
14 Petroleum Storage and Transportation. And sitting next  
15 to Bill is the Honorable W. Henson Moore, Deputy  
16 Secretary of Energy. On my far right is Marshall  
17 Nichols, the Executive Director of the Council and next  
18 to Marshall, is Lod Cook, the Vice Chairman of the  
19 Council.

20 On my immediate right, is the Honorable James  
21 Watkins and we are very pleased that Secretary Watkins  
22 could join us this morning. We think this nation is  
23 indeed blessed by having him to be the Secretary of the  
24 Department of Energy, and for those who have not had the  
25 pleasure of meeting him and knowing all about him, I

1 would like to state that he is a native Californian,  
2 graduate of the Naval Academy and he holds Masters  
3 Degrees in Mechanical Engineering and is a graduate of  
4 the Reactor Engineering Course at Oak Ridge National  
5 Laboratory. He served for three years with the Atomic  
6 Energy Commission, as Admiral Rickover's assistant, for  
7 Naval Nuclear Propulsion.

8 And his tours as Flag Officer included Chief of  
9 Naval Personnel, Commander of the Sixth Fleet, Vice Chief  
10 of Naval Operations, Commander in Chief of the Pacific  
11 Fleet, and Admiral Watkins was selected by President  
12 Reagan to become the 22nd Chief of Naval Operations in  
13 1982.

14 His military decorations include several  
15 distinguished service and Legion of Merit medals, the  
16 Bronze Star with a combat V, and many others.

17 Following his retirement in 1986, Admiral  
18 Watkins has been extremely active in various forms of  
19 public service, and in October of '87, Admiral Watkins  
20 was appointed Chairman of the Presidential Commission on  
21 the AIDS Epidemic. And he submitted his report to the  
22 President in June of last year.

23 Admiral Watkins has now taken on this as  
24 another challenging public service as our Secretary of  
25 Energy and it is a very crucial time in our energy's

1 history and we are blessed, I think, truly by having  
2 someone of his character, and his caliber to be the  
3 Secretary of Energy.

4 At this time, it is my pleasure to present the  
5 Honorable James Watkins.

6 STATEMENT OF THE HONORABLE JAMES WATKINS,  
7 SECRETARY OF THE UNITED STATES DEPARTMENT OF  
8 ENERGY.

9 SECRETARY WATKINS: Thank you, very much, Ed.

10 It is a great honor for me to be here this  
11 morning, as Secretary of Energy, and to have been asked  
12 to address this prestigious group, very important to me,  
13 as a Secretary, on the subject of energy.

14 Before I start, I would like to just shift the  
15 agenda, if I might, Ed, a minute, and I would like to  
16 just bring Henson Moore up and let him say hello to you  
17 so that you know that he can talk.

18 He is a wonderful person, is a former  
19 Congressman from the great state of Louisiana, and he is  
20 my oil and gas right arm. He and I are going to make a  
21 great team. We have grown very fond of each other,  
22 professionally and personally since we have been together  
23 the last couple of months and he was no sooner baptized  
24 as Deputy Secretary of Energy last week, then we launched  
25 him onto Capitol Hill the next day and he gave a

1       fantastic testimony to the electricity problems in the  
2       northeast region of the United States. Very important in  
3       light of the questionable decision being made up there on  
4       the Shoreham plant.

5               So, yesterday we launched him again over there,  
6       or the day before, on the issue of gasoline prices vis-a-  
7       vis the Valdez incident. Another commendable job; a  
8       tough assignment to sift out all of the issues regarding  
9       the increase in crude oil prices and how they effect the  
10      price of gasoline.

11             So, Henson, if you will come over and let them  
12      know who you are and just say hello this morning, then I  
13      will proceed on with my remarks.

14             DEPUTY SECRETARY HENSON: Hello.

15             (Laughter.)

16             SECRETARY WATKINS: He didn't have that same  
17      reputation for brevity on Capitol Hill, but that is  
18      typical over there.

19             Now, let me state from the outset this morning  
20      that I plan to use the collective wisdom and expertise of  
21      the National Petroleum Council in the role for which it  
22      was intended, and that is to advise the Secretary of  
23      Energy on national energy policy objectives.

24             You have an important voice, and as I  
25      mentioned, with your Chairman yesterday and the

1        respective chairman and your executive director, that on  
2        my watch that voice is going to be heard.

3                We, in the Department of Energy, are going to  
4        put together an integrated national energy strategy for  
5        this country. And we have been asked by the President to  
6        do that, and we have all long awaited such a strategy and  
7        we are going to do it.

8                When I sat down at my desk a couple of months  
9        ago, I was presented with a stack of very impressive  
10       documents, all describing energy policies, energy  
11       projections, energy programs, energy budgets and there  
12       were a number of NPC reports in that stack.

13               And as I began to look through them, I was  
14       impressed with the enormous amount of information we have  
15       to draw from. We don't need to reinvent any wheels.  
16       Many of these are excellent documents, but there is  
17       clearly a missing component. There seems to be no common  
18       thread to permit conversion to an action plan.

19               No integrated link between policies and  
20       programs and budgets that presents not so much a  
21       discussion of energy issues -- that is easy -- but a  
22       strategy that can pave the way for those programs and  
23       policies to be brought to fruition over time.

24               On the other hand, I don't believe that our  
25       role in the Department of Energy is to plot a strict



1 unbending course of energy in this country. That has been  
2 tried before and the changing nature of the market kept  
3 getting in the way and outdating such plans before they  
4 could be placed into effect.

5 But I believe this government needs to have an  
6 approach to carrying out energy policy that recognizes  
7 the interrelationships of energy resources and that of  
8 energy to other elements to our economy and our society.  
9 For example, we would need to lay out for the American  
10 people the fact that natural gas decontrol can be an  
11 integral part of not only energy policy, but also  
12 environmental policy.

13 We need to be able to make the case that the  
14 ill-considered, what I called, Alice in Wonderland-  
15 decision, to close the Shoreham Nuclear Plant is totally  
16 contrary to calls for action on global warming and  
17 concerns about declining utility margins in the  
18 northeast.

19 We need to be able to fit conservation and  
20 renewable energy resources into a coherent national  
21 energy program. And we need to be able to take to the  
22 Congress and energy budget that flowed from an integrated  
23 set of sensible objectives rather than a budget that  
24 dictates outcomes, which even if achieved, would probably  
25 not satisfy near and long-term national objectives.

1                   So, that is the overarching challenge that I  
2                   see in the next several months, perhaps the next couple  
3                   of years. And in fact, it is my intention to put Benson  
4                   on the road and to listen to people all over the country  
5                   in the various regions talk about their ideas about a  
6                   national energy strategy, primarily to get the awareness  
7                   up for such a program and to allow the dialogue that must  
8                   take place to build a consensus document.

9                   One thing I learned in the AIDS Commission  
10                  experience, you have to listen to the American people,  
11                  they usually give you the straight scoop. Six hundred of  
12                  them came before us, 43 hearings, and we found that, for  
13                  the most part, good thinking Americans are just about 85  
14                  percent in agreement with each other on important issues.

15                 And I think that we are finding the same  
16                 situation here, as I weave through the Congress and  
17                 listen to their complaints, I don't hear much different  
18                 from those comments that I would hear from your Chairman.

19                 So, I believe that we do have an opportunity  
20                 here that is incredible for the nation, and we need to  
21                 pull it together now, so that we can press on with a  
22                 variety of programs that all seem to be demanded right  
23                 now in an unusual way.

24                 There are other challenges that I also face,  
25                 like cleaning up the mess we have in our nuclear defense

1 facilities. And integrating into those facilities the  
2 lessons that should have been adopted at least since  
3 Three Mile Island. Bringing up operating standards up to  
4 or better than par with those in the private sector, that  
5 is not the case today.

6 And all of these are challenges that face us,  
7 and which I hope we can begin resolving while I am the  
8 Secretary of Energy. But when I leave this job, if I can  
9 look back and say, we fashioned a common sense energy  
10 strategy for this nation; one that reflected the promise  
11 and potential of our coal, oil, gas, nuclear,  
12 conservation, renewable energy resources; one that  
13 reflected the realities of the market place, and one  
14 sensitive to legitimate local and global environmental  
15 concerns, and one that brought this nation together on a  
16 common path, toward greater energy security, then I would  
17 have accomplished my primary goal as Energy Secretary.

18 That is what I want the National Petroleum  
19 Council to help me do, because the one message that came  
20 out of those reports, and analyses, that were handed to  
21 me was that a truly effective national energy strategy  
22 must begin with oil and gas. Oil and natural gas account  
23 for 2/3 of our nation's energy requirements and there are  
24 no readily available alternatives in the near term.

1           It is that umbilical link to unstable oil  
2       sources in the world that threatens our energy security  
3       and that threat, as you know, is increasing every day.  
4       And so it is still oil and gas that must remain at the  
5       core of our strategic energy thoughts. And that means  
6       that this Council can play a fundamental role in creating  
7       and refining that strategy.

8           One of the great tragedies in this country, as  
9       a technical person, is that when something is announced,  
10      like table top fusion, immediately we begin to believe  
11      that somehow, magically, we will have a thousand megawatt  
12      electrical plant coming off that table top within days.  
13      And this is one of our problems; we can't relate to a  
14      longer term strategic planning process. And so, today,  
15      sure we have a lot of alternatives being worked; in  
16      alternate fuels, methanol, ethanol and the like, flexible  
17      fuel cars that are being developed, natural gas cars,  
18      those are all good things.

19           But we are far from converting this nation,  
20      overnight to a new transportation mode. We must work on  
21      it, work hard at it, try to turn that import curve  
22      around, but we are certainly a long way from doing that.

23           So the challenge I offer you today is to begin  
24      looking at your industry in that context. Examine its  
25      future. Look at how it fits within our domestic energy

1 structure. And where it is going? What government  
2 policies and programs are needed to get it there and  
3 where the roadblocks are?

4 For example, pipeline regulation; what is  
5 inside that? What are the regulatory bodies doing at the  
6 federal and state level that impede progress in bringing  
7 a sensible mix of energy sources together?

8 So, you have got to show us the way to  
9 transition sensibly to a new mixture of energy sources  
10 which can help propel our nation into an economic success  
11 story at next century's turn.

12 I want to start that process today and I want  
13 to give you some of my views on priorities that affect  
14 the oil and gas industry and I would first say, is it a  
15 comprehensive list? No. It is particularly insightful;  
16 probably not.

17 Will you have advice on how it should be  
18 modified and changed; I certainly hope so. Because I  
19 expect that from you and I need your help.

20 Priority number one is what I would call  
21 restoring confidence. Obviously the oil industry is  
22 suddenly and tragically reached a pivotal time in its  
23 history and Americans seem to recognize and react slowly  
24 to evolving events, like the threat of rising oil  
25 imports. But a sudden incident, like the Exxon Valdez

1 accident will crystalize and galvanize public opinion  
2 instantaneously.

3 That is what the oil industry faces right now,  
4 a very critical and skeptical public turned that way  
5 literally over night. And the industry must recognize  
6 that this is not just an Exxon problem. Nor is it a  
7 problem confined solely to marine transport of crude oil,  
8 or even to the Arctic region.

9 Every oil company will have to confront the  
10 images created by the spill in Prince William Sound and  
11 every company will have to shoulder part of the  
12 responsibility for restoring public confidence in the  
13 petroleum industry.

14 We need to learn from the Valdez spill and we  
15 need to resolve the apparent conflicts that developed.  
16 For example, on the use of dispersants, would they have  
17 created more of an environmental hazard than they  
18 removed? On immediately booming the tanker, was there a  
19 fire hazard or not? On the state of readiness to respond  
20 to a problem of this magnitude, was it adequate? On the  
21 safeguards in place or not in place, could they have  
22 prevented this accident?

23 These are questions that once were confined to  
24 the permit process, to small meetings of oil companies,  
25 engineers, and local officials. Now, they are on the

1 front page of every newspaper of the country, every day  
2 and the topic of conversation among the public at large.

3 At the Department of Energy we are going to  
4 make the case that oil production and oil transport is by  
5 and large an environmentally safe process. We are going  
6 to attempt to convince our audiences in Congress and  
7 elsewhere that we can't react to the Valdez accident by  
8 adopting policies that simply replace Alaskan tankers  
9 with Mideast tankers.

10 We are going to talk about the track record of  
11 the industry, six and a half billion barrels of crude oil  
12 shipped out of Valdez in a dozen years on nearly 9,000  
13 tankers with virtually no environmental damage until now.

14 We are going to discuss the exceptional  
15 environmental record of off-shore oil production, more  
16 than 5 billion barrels of oil produced from the outer  
17 continental shelf in the past decade and a half, with  
18 less than 900 barrels spilled as the result of blowouts.  
19 And the data coming in worldwide, on what goes into the  
20 ocean from our rivers, from industrial waste, far exceeds  
21 anything we see in even the tanker problem.

22 And we are going to continue to make the case  
23 for exploring ANWAR, the Artic National Wildlife Refuge,  
24 and attempt to break the linkage that I am afraid is  
25 developing in the public's mind that the Valdez incident

1 means that we can no longer risk new development on the  
2 North Slope.

3 But we cannot be the only ones making that  
4 case. The entire industry has a stake in how this debate  
5 unfolds. And you, in industry, must be able to convince  
6 people that you have workable oil spill contingency plans  
7 and that you have policies and practices in place to  
8 police your work force and that you operate in both  
9 normal times and during accidents with a clear  
10 recognition of the importance of environmental safeguards  
11 and adequate responsiveness and most importantly, that  
12 environmental protection is not just another regulatory  
13 burden but the watchword of every aspect of your  
14 operation.

15 By the way, that is the indential challenge to  
16 me, in the national defense complex of the Department of  
17 Energy, it is no different. Environment is number one  
18 and yet, it has not been for over 35 years of operation  
19 there. As a consequence we have the incredible waste  
20 situation that we have in this nation that we simply have  
21 not done anything about. And now it is a scandal and we  
22 have to fix it.

23 And why we can't do these things incrementally  
24 and keep our act together, I have no idea, but we tend to  
25 slip into the malaise of happiness and things working



1 well and don't dust off our contingency plans to stay  
2 ready for the assured situation which will otherwise  
3 arise, if we are not ready.

4 There is no doubt that we have our work cut out  
5 for us. And as you know, efforts to move the ANWAR bill  
6 through the Senate have been suspended for the time  
7 being. Politically that was probably a wise course of  
8 action, but the clock is ticking. You know better than  
9 I, that we don't have a surplus of oil in the United  
10 States. Almost 2/3 of the free world's oil is in just  
11 about five countries, Saudi, Kuwait, Iran, Iraq, and the  
12 United Arab Emirates.

13 And the excess production, some people call it  
14 a glut, that everybody talks about, is primarily a  
15 surplus of crude oil production capacity in other  
16 countries. And most of that is OPEC surplus.

17 Our vulnerability to oil supply interruptions  
18 is greater today than it was at the time of the Arab Oil  
19 Embargo 15 or 16 years ago. And becoming more apparent  
20 to the American public as we approach and perhaps pass  
21 the 50 percent import mark. These are dangerous signs  
22 and we must do something about them and time is running  
23 out. Particularly, when we realize that it takes 10  
24 years or more to bring a field like Prudhoe Bay or  
25 hopefully ANWAR into production.

1 Priority Number Two, in addition to rebuilding  
2 the confidence of the American public, is to restore the  
3 health and vitality of our domestic petroleum industry.  
4 And the Bush Administration is committed to that course  
5 of action, and that was reflected in the tax incentives  
6 that he proposed in his building a better America that he  
7 submitted on the ninth of February to the Congress.

8 The President's policies can be summarized in  
9 this manner: One, high level exploratory drilling is  
10 needed as a precursor to domestic greater domestic  
11 production.

12 Two, such exploratory drilling requires  
13 producers, including independent producers with financial  
14 strength.

15 Three, tax incentives targeted to exploratory  
16 drilling, tertiary enhanced oil recovery and independent  
17 producers are the most cost effective method of achieving  
18 these goals.

19 Four, the incentive should be linked to the  
20 price of oil relative to the cost of finding and  
21 producing it as the energy sector recovers the  
22 incentives, also should be phased out.

23 And, five, at long last, the 35 year era of  
24 government controlled pricing of natural gas should be  
25 ended. And regarding the last point, we are finally

1 seeing some light at the end of the tunnel.

2 Both houses of the Congress a consensus has  
3 been fast building this year, and my Deputy, Henson  
4 Moore, as his first job assignment as consultant, to the  
5 Designate Secretary of Energy, because there is nobody  
6 else up on the Seventh floor, so that we had to kind of  
7 take charge early, even before we were confirmed. He got  
8 over on the Hill and worked the natural gas problem,  
9 relaying the President's message and helping build that  
10 consensus and support.

11 And we were pleased today in the paper to read  
12 the passing of the decontrol of natural gas bill in the  
13 House of Representatives. It will move quickly, in my  
14 opinion, through the Senate, where the differences are  
15 small in the details of the bill.

16 Now, those prices phase out, those controls  
17 phase out on 1 January '93, and we would have preferred  
18 in the Administration that it be earlier, immediately if  
19 possible. But the worst thing that we could have done  
20 was destroy consensus in this particular bill. It has  
21 been a contentious issue for so many years. And the fact  
22 that it has moved through so quickly, is an indication of  
23 bipartisan sportsmanship now that prevailed and I think  
24 that it is extremely important that we keep that momentum  
25 going. We have so many issues to bring to the Hill this

1           seeing some light at the end of the tunnel.

2                   Both houses of the Congress a consensus has  
3           been fast building this year, and my Deputy, Henson  
4           Moore, as his first job assignment as consultant, to the  
5           Designate Secretary of Energy, because there is nobody  
6           else up on the Seventh floor, so that we had to kind of  
7           take charge early, even before we were confirmed. He got  
8           over on the Hill and worked the natural gas problem,  
9           relaying the President's message and helping build that  
10          consensus and support.

11                   And we were pleased today in the paper to read  
12          the passing of the decontrol of natural gas bill in the  
13          House of Representatives. It will move quickly, in my  
14          opinion, through the Senate, where the differences are  
15          small in the details of the bill.

16                   Now, those prices phase out, those controls  
17          phase out on 1 January '93, and we would have preferred  
18          in the Administration that it be earlier, immediately if  
19          possible. But the worst thing that we could have done  
20          was destroy consensus in this particular bill. It has  
21          been a contentious issue for so many years. And the fact  
22          that it has moved through so quickly, is an indication of  
23          bipartisan sportsmanship now that prevailed and I think  
24          that it is extremely important that we keep that momentum  
25          going. We have so many issues to bring to the Hill this

1 year, in legislation.

2 So, hopefully this is the start of a snowball  
3 of pro-energy issues that we can move through the Hill,  
4 very rapidly. We are certainly going to be spearheading  
5 that as far as the energy bills are concerned.

6 The third major policy priority is in the area  
7 of advanced technology. The NPC has done some truly  
8 outstanding work in cataloging the potential of enhanced  
9 oil recovery. And our job is to foster the kind of  
10 productive government/industry relationships that  
11 translate that potential into reality.

12 I am convinced we can do more in this area.  
13 The focus of the government's petroleum was once on the  
14 longer term, highest risk aspects of oil recovery. That  
15 is beginning to change. And we recognize the need in  
16 light of the impact of the drop in oil prices to look  
17 more at near term technological needs. Our program still  
18 includes the traditional methods of enhanced recovery --  
19 the application of heat, gas and chemicals to a reservoir  
20 but now, we are looking at techniques that can find and  
21 produce oil that may have been bypassed by conventional  
22 technologies and yet, is sufficiently mobile to be  
23 produced without extraordinary advances in EOR.

24 We have placed a major emphasis on geosciences  
25 in how to translate a better understanding of the anatomy

1 of a reservoir into more effective petroleum engineering  
2 techniques. And as perhaps one of the most important  
3 priorities we are going to devote a considerable amount  
4 of attention to technology transfer. I have a very  
5 specific interest in this aspect of our petroleum. We  
6 have not done enough of it, in the past, and yet, it  
7 should be an integral part of everything we do.

8 We have a wealth of expertise, talent and  
9 innovation existing in our national laboratories, for  
10 example. Much of this knowledge was spawned in the  
11 nuclear weapons program; seismic monitoring, drilling  
12 technology, a host of geologic sensors and  
13 instrumentation.

14 So there is not a need for a large scale R & D  
15 program here. Most of the technology is already  
16 developed. It is not classified. The challenge is to make  
17 industry aware of it and to develop ways to move it from  
18 the defense program into the oil patch. And that is  
19 technology transfer, and that will be a priority of mine  
20 in the petroleum program.

21 Lastly, and please don't consider these  
22 priorities I have listed today to be in any kind of  
23 special order. I am very concerned about the steps we  
24 are taking or not taking to encourage the talents of our  
25 young people to be applied to math, science and

1 engineering.

2 And the 21st century is not something that is  
3 still a decade away. It already exists in the minds and  
4 skills being developed in today's generation of students.  
5 And it is our responsibility today, to do all we can to  
6 motivate and encourage them. But we are not doing  
7 enough. In 1982, for example, there were more than 3,300  
8 freshmen enrolled in the major petroleum engineering  
9 schools in the country and in '87, only 271 were. Now,  
10 there is some turn around, we are up to 370 this year,  
11 but it is not encouraging.

12 But it is similarly discouraging in all other  
13 areas regarding science and engineering. There is a  
14 major effort by the National Academy of Sciences, Dr.  
15 Cyborg and I will chair a major meeting of some of the  
16 best minds in the nation out at the University of  
17 California in the fall and we will try to bring their  
18 attention to this issue. It is a major issue that needs  
19 mobilization by your industry and the other industries  
20 related to energy matters, and other matters. It is  
21 almost any area of our society today, whether it is  
22 health, medical science, whether it is oil and gas,  
23 whether it is nuclear, whether it is space, whether it is  
24 SDI, whether it is a fast food vendor, we all need to  
25 know a lot more about computation, mathematics, science

1 and how things work.

2 And we simply cannot remain number 14 in the  
3 industrialized world in these areas, and expect to be  
4 internationally competitive. So, somehow we have to put  
5 this on the front burner and parallel with everything  
6 else we are doing. We are not going to solve it by  
7 mechanical means only; we need human beings in there,  
8 that need to be motivated along these lines, and we have  
9 to focus on the centroid of the country and stop just  
10 looking at best and brightest and how to make them better  
11 and brighter. We have the rest of society to worry about  
12 that should be involved with us in our scientific and  
13 engineering work in the nation, or we are not going to  
14 make it as leader of the free world.

15 And we have a tremendous reservoir of talent  
16 and but it is imperative that we replenish that talent  
17 and motivate it, and that is why I am so personally  
18 interested in incentives to attract our brightest young  
19 people into these fields.

20 In my immediate reincarnation, after retiring  
21 from the military, I became involved in a number of  
22 private sector groups; Carnegie Corpation, New York;  
23 Exxon Education Foundation, the Education Commission of  
24 the States and others, where this was the principle  
25 focus. I see no reason why I shouldn't continue to do



1           that in the Department of Energy and that is what I am  
2           doing. If we are to be a truly progressive society, let  
3           us at least be forward thinking enough to prepare  
4           America's young people to be part of the energy  
5           breakthroughs of the next century.

6                     There is no more exciting time. As we look at  
7           clean coal technology, the new techniques for oil  
8           extraction, the whole concept of alternative fuels, the  
9           complex technology of conservation. Conservation is not  
10          just giving three hundred saplings for a wedding present,  
11          it is far more complicated than that, and it needs the  
12          kinds of technical review that is so essential to place  
13          into our laboratories and into our best minds, to make  
14          sure that we are doing our job right.

15                    And so it is absolutely critical to your  
16          industry and to the nation to encourage this talent to  
17          come in and get their feet wet with us. So this is the  
18          starting point, both for me and for you, I have a lot to  
19          learn about your industry but I have a lot of advisors  
20          here in this room who are very capable of conveying at  
21          least a portion of their knowledge to me.

22                    And so let me ask you again to think about the  
23          challenges both you as industry and we, as a nation,  
24          face. Together we can put together energy strategies  
25          that make sense for this nation. And one that builds

1 from the lessons of the past, but most importantly, one  
2 that recognizes the true energy strengths of America as  
3 key to her economic competitiveness, and hence, to our  
4 continued role as leader of the free world.

5 Thank you, very much and if we have a minute, I  
6 will stand by for questions.

7 CHAIRMAN COX: Thank you very much Mr.  
8 Secretary and he is very nice to accept some questions.  
9 But also before that, if I may, I would like to call on  
10 Deputy Secretary Henson Moore for any comments that you  
11 would like to make -- oh, do you want to take the  
12 questions, first?

13 All right. Please.

14 Would you identify yourself for the record  
15 first, name and affiliation?

16 MR. GONZALEZ: I am Richard Gonzalez, and I am  
17 an economist who has been involved in the energy business  
18 since I left the University of Texas as a professor, to  
19 being a chief economist to an oil and refining company,  
20 which is now Exxon USA and I think you have addressed  
21 something that is very important to which I would add,  
22 that energy is critical to the productivity of our work  
23 force, and therefore, that we have to concentrate on  
24 that.

1 I was a consultant to the task force of 1954 on  
2 energy policy which recommended that we restrict imports.  
3 In 1969, I wrote to the -- Task Force and told them that  
4 the price of oil would surely go up because of the  
5 tremendous increase that occurred in demand, and yet,  
6 they were convinced by the people from MIT that because  
7 there was cheap oil in the Middle East, in their report  
8 they said, that the price of oil would surely not go up  
9 by 1980 but would probably go down, which of course,  
10 proved to be a disaster.

11 Now, the critical part of what you have  
12 addressed is that for decisions about energy have to be  
13 made for the investments in the next 20 to 30 years, and  
14 on that score, I would like to say that at the University  
15 of Texas, we have put out a paper recently on the  
16 Determination of the Equilibrium Price of Oil in Relation  
17 to Coal. And in which we point out that the price of oil  
18 had been kept too low by the government in the 1960's and  
19 early '70's because it regulated the price of natural gas  
20 and then when we passed the Coal Mine Health and Safety  
21 Act we doubled the cost of coal while we kept the price  
22 of oil down and the price of gas down.

23 We passed the environmental regulations, which  
24 limited the sulphur, and use of coal and therefore, we  
25 enhanced the value of oil and gas. So that it is not

1 surprising that the price of oil shot up when we lost  
2 control of the market, and then, it remained at  
3 approximately stable level in relation to coal until  
4 1979, when our President sent a message to Congress, he  
5 was convinced that there was no future for oil and gas in  
6 this country and said, we would have to go to synthetic  
7 fuels and that we would have to subsidize synthetic fuels  
8 until the price of oil got to \$28 a barrel.

9 And so naturally the OPEC countries said if  
10 that is your alternative, we will raise the price to \$28  
11 a barrel. And then keep it going up in relation to  
12 inflation. And I pointed out long before this change  
13 occurred, and the decline in price, that the price of oil  
14 got so far out of line with price of coal and yet, people  
15 were saying that it was going to keep on going up to \$100  
16 a barrel, which was ridiculous.

17 And so, we have to help this country and the  
18 people in this industry understand what this country will  
19 have to look forward to paying for energy over the period  
20 in which they are now making their investments, and your  
21 focus on policy, the national policy is the critical  
22 thing that we must concentrate not on what is going to  
23 happen 50 or 100 years from now -- we can remember that  
24 the oil was discovered in 1859 but it was not until the  
25 20th century before it became more important than coal.

1 And gas has been around a long time, too. Yet,  
2 it has tremendous potential for the future so that you  
3 have focused on the most important thing, not only for  
4 the energy business, but for the future economic welfare  
5 of this nation.

6 Thank you.

7 SECRETARY WATKINS: I wished I had asked you  
8 the question, that is a hell of an answer.

9 (Laughter.)

10 That is a very good point here and I think that  
11 we have waited too long to pull our act together and I  
12 think what I have decided that the only way that I can  
13 build this strategy is to make everybody equally unhappy  
14 in its result.

15 But that is about the way that it is going to  
16 have to be. We are all going to have to give a little,  
17 and we are going to have to work together and we are  
18 going to have to pull all energy as a good thing, for  
19 this country together, to get this nation really moving  
20 into that next century. And pull right along with it,  
21 all the good people who need to manage it.

22 And was there another one down here?

23 MR. PARKER: I am Bob Parker from Parker  
24 Drilling Company. Again, you are asking the questions,  
25 and I think we are giving you speeches. This one will be

1 very short.

2 There is another dimension that I hope you keep  
3 in mind, and that is the people that make it happen, the  
4 research centers. They are just a small part of it, but  
5 the capability of getting our facts and figures launched.  
6 It is not so much being able to do the job, but that  
7 progress to keep ourselves competitive. We are losing  
8 most of our capability in improving the delivery of  
9 product and that is a problem that I don't know how to  
10 solve and how to address, and hope it is part of the  
11 program.

12 SECRETARY WATKINS: It is part of the program.  
13 I touched on it briefly when I talked technology  
14 transfer. And we had a meeting yesterday with some  
15 prominent Senators and Congressmen in my office on this  
16 very issue. We are losing out in many areas. Let's take  
17 just the area of ceramics for example.

18 There is no reason why our laboratories that do  
19 a lot of work in this area, a lot of very, very basic  
20 research and good research, can't be made responsible to  
21 focus on about four or five areas, of technology  
22 shortfalls that we have in this country where we are  
23 losing out to foreign bidders, worldwide.

24 And we have got to move, they are moving faster  
25 than we are and there is no reason for that. So we are

1 going to be aggressively going after those technologies  
2 in a different way to take them into industry as fast as  
3 we can move them and that will be a new adjunct to the  
4 energy policy.

5 I don't see how we can avoid things like  
6 ceramic engine development for instance, with our energy  
7 policy so that this is going to be very broad in the way  
8 that we approach this. And certainly the employment of  
9 our intellectual resources in our laboratories, which are  
10 incredible in this country, have to be focused and we  
11 have to make sure that we are using those valuable  
12 resources in a new way, as we migrate away from say, new  
13 nuclear weapon development for example, into other  
14 development in the country to make us competitive.

15 So, it is a very, very good point, and it will  
16 be one of our major objectives. We will be putting out a  
17 set of Department of Energy objectives for the nation  
18 about the first of June to surround a lot of these  
19 issues, and this will be one of the principle objectives  
20 we will set.

21 CHAIRMAN COX: Thank you very much, Mr.  
22 Secretary. We do appreciate your being here and your  
23 answering questions, and if I may, I would like to call  
24 on Deputy Secretary Moore.

1 STATEMENT OF DEPUTY SECRETARY OF ENERGY, THE  
2 HONORABLE W. HENSON MOORE.

3 DEPUTY SECRETARY MOORE: Ladies and gentlemen,  
4 he does have to leave, and I think if you all will excuse  
5 him so that he can get back to try to save the energy  
6 industry. And we certainly appreciate him being with us  
7 this morning.

8 What I have to say about him I don't want him  
9 to hear. That is why I am trying to hustle him out of  
10 here so hard, but he does have to get back. When I look  
11 at the problems in this industry and I sort of grew up  
12 with them as some of you may suspect, I never have gotten  
13 too far away from it. And I look at the problems that we  
14 are facing at the Department of Energy, not just  
15 concerning you but coal and nuclear and our broken bomb  
16 factory, we call it, where all of our very important  
17 national defense nuclear reactors are closed and they  
18 have got to be reopened at some point in the near future  
19 or we are facing unilateral disarmament.

20 And I figure you need a miracle and we need a  
21 pocketful of miracles at the Department of Energy. But  
22 that is the kind of odds you like. You like joining a  
23 team -- if there are 14 teams in this league of Cabinet  
24 Departments, we are ranked 14th, we are in the cellar  
25 right now.



1 And that is exactly the position you want go be  
2 in. Can't go any lower, and anything we do will be an  
3 improvement. When I look for miracles, I think about the  
4 story that happened in north Louisiana, just outside  
5 Shreveport, where Dalton Woods is from and we don't have  
6 too many Catholics. There were these two farmers, and  
7 they were coming along the road in an old broken down  
8 raggedy truck and they were coming up on a car pulled off  
9 on the side of the road where two nuns who were members  
10 of a hospital order, and they were headed on down to  
11 south Louisiana to a hospital where they had been  
12 assigned, and had run out of fuel.

13 And all I had to go the gas station to get some  
14 gasoline was a bedpan and so they had done that. And just  
15 as the farmers come around the road, here is one of these  
16 nuns pouring the contents of that bedpan into the  
17 gasoline tank into her car. And the first farmer said to  
18 the second, now, Jed, we are going to pull over and be  
19 watching this. We are going to watch and if that car  
20 cranks up, and if it runs, we are going to be trading  
21 models and changing churches.

22 With miracles we are talking about, we are  
23 going to do the best we can to try to make that happen  
24 and try to work with you in doing that.

1 Normally the Admiral and I do not appear  
2 together. Somebody has got to be back at the office and  
3 when he is travelling, I am running the show and when I  
4 am out travelling, he is staying pretty close to the  
5 office. We came here this morning together, because that  
6 is a symbol we hope you see how important we think you  
7 are and you will be in our work over the next two to  
8 three years, or however much longer we will be here.

9 And we do need your help. It is also  
10 particularly poignant moment for me. I look out over  
11 this audience and there are an awful lot of friendly  
12 faces I have known for a long time -- people who were a  
13 lot of help to me in a lot of campaigns and battles on  
14 the Congress floor in the past, and people who tried very  
15 hard to get me to join the Bush Administration.

16 And I want to thank them for all they have done  
17 for me in the past. And I want to tell you that I think  
18 the President of the United States made the right  
19 decision, now that I have seen his wisdom and I have been  
20 working in this thing. And I want to thank those of you,  
21 like Bobby Parker, who called me and said, Henson, do  
22 take that number two job, it is important. And we want  
23 you to do it and it would be the best thing for you.  
24 Bobby, I am here to tell you, you were dead  
25 right. That after six weeks of working with the Admiral,

1 I am absolutely convinced of the President's wisdom, and  
2 I am also convinced that it is the smartest thing that I  
3 have ever done.

4 And we are teamed up together in harness  
5 working on a number of projects, and it is mutually  
6 beneficial for the two of us to work together and it is  
7 also finding that he is teaching me a lot and he listens  
8 when I speak up on things, where he thinks I have got  
9 expertise.

10 And to show you how dedicated this fellow is,  
11 to this industry, one that he doesn't know much about,  
12 but he is learning daily. He is an extremely, incredibly  
13 bright man and he is a very, very smart fellow.  
14 Technologically, I have not met anybody who can touch him  
15 in politics yet.

16 He also has a sense of humor. He also is not  
17 the typical Admiral. When I first met him and I was  
18 prevailed to at least talk to him after I had told him no  
19 for the fourth time and even told Bobby no, they said,  
20 look go and talk to the guy.

21 So I devised a test. The first thing I am  
22 going to say to him is going to be this sentence, and if  
23 he gets mad, I know that he is a typical General or  
24 Admiral and I can't work with him and if he laughs, I  
25 will know, here is somebody unusual.

1                   And so I sat down and I said, Admiral, you  
2                   probably think about as much of former congressmen as I  
3                   do, former Admirals. And he rolled out of his chair  
4                   howling laughing and it has been that way ever since.

5                   He is the kind of fellow that he really devotes  
6                   himself to the job at hand and to show you how hard he is  
7                   trying to learn about this industry and how fast he is  
8                   learning, Helmut Merklin puts out an abundance of charts  
9                   and graphs and he floods us with them. If we had as much  
10                  oil production as we do production of charts coming out  
11                  of EIA, we would not have any problems in this country.

12                  But there is one chart he gives the Admiral and  
13                  me every Friday morning and I have noticed, and he has  
14                  never heard me say this, but he puts that under the glass  
15                  on his desk. It is before him all day long six or seven  
16                  days a week, and that is Helmut's chart, he puts out on  
17                  how many seismigraphic crews are working, how many rigs  
18                  are working, what is the price of oil?

19                  That is the only document that is under the  
20                  glass cover of his desk and of all the problems he  
21                  worries about, I think it is particularly heartening that  
22                  he takes a very close look and keeps up with that. And he  
23                  knows what is going on and he follows it very closely and  
24                  I have got extremely high hopes that he will be able to  
25                  dedicate his tremendous resources to working with the

1 industry in finding solutions for some of the problems  
2 that we have.

3 He talked about a national energy plan. Now,  
4 to me, thinking back to the days of the last time that we  
5 saw a national energy plan, what that meant was  
6 regulations and controls. And that was the first thing  
7 when he said that, I said, whoa. And we sat down and had  
8 a long conversation and I soon found out what he was  
9 talking about.

10 He is used to grand strategies, when he was the  
11 Commander in Chief of the Navy and he is used to having a  
12 game plan and then working that game plan. He is dead  
13 right. Sometimes we get caught in the thick of battle of  
14 trying to get the natural gas bills through, and we get  
15 caught in the thick of battle trying to get the  
16 President's tax incentives through and we lose sight of  
17 where is this play in the bigger picture?

18 He sees the big picture and so we are going to  
19 work on the big picture, and I have recruited -- I can't  
20 name this morning, but when that name comes out, you will  
21 be very impressed -- we found the number one person in  
22 Washington that we could hire away from a job paying  
23 three times more money to sit down and help us develop  
24 this national energy plan.

1                   And we are not talking regulations and we are  
2                   not talking about controls. We are talking about  
3                   production, we are talking about delivery, we are talking  
4                   about doing away with laws that impede it and  
5                   regulations. We are talking about a document that will  
6                   become a strategy that we act off of, every day, with the  
7                   press and with speeches and the Congress, and, yes, even  
8                   the courts, as we are even using the Justice Department  
9                   as a part of that strategy.

10                   Where we are going to be constantly telling the  
11                   American people, this is what we should be doing for the  
12                   energy independence of this country, for the quality of  
13                   life of its citizens and for the competitiveness of our  
14                   business and industry. And that was some of the battle  
15                   that we just got into, and the Shoreham Power Plant is an  
16                   example of that.

17                   And you are going to see an activist  
18                   department, like you have never seen before. As we  
19                   develop this energy plan, we are going to need your help  
20                   in doing it to be sure we are right, and then you are  
21                   going to see us go to war, day in and day out, with that  
22                   energy plan as our weapon and our strategy, to help us  
23                   build a true energy policy in this country, something I  
24                   don't think has existed since the last one that went back  
25                   in the mid-'70's, which was, I thought, dead wrong.

1 And so now, we are going to try to do one  
2 absolutely right, with your help.

3 Joe Easton, Joe -- stand up over here -- Joe is  
4 the special assistant to the Admiral, to the Secretary  
5 and myself, who is going to be the person who is going to  
6 be the contact point between our office and between you.  
7 And I was told yesterday by Led, who didn't believe all  
8 of the things that we were telling him, we are going to  
9 be doing, sent us a letter asking us to do this. Listen  
10 we are understanding bureaucratize and if that is what  
11 you need, it is what you are going to get and Joe is  
12 drafting the letter. And we come forward asking you for  
13 specific things.

14 First of all, to give us the wherewithal and  
15 the ability of your talent and resources to work with us  
16 on a regular basis as we develop this national energy  
17 plan. And we will lay that out for you and we will look  
18 for you to contact us back and tell us, would you want to  
19 come meet with us monthly? Do you want to form a  
20 committee to do that and have that committee meet with us  
21 monthly? You tell us, but it is going to be a regular  
22 thing where you come and sit down with us as we develop  
23 this.

24 Number two, Assistant Secretary Allen Wampler  
25 and I visited this last week and I have asked him to

1 prepare and he is working on it now, a list, an analysis  
2 of all of the research and development projects, we are  
3 doing in the Department of Energy or ever have done, that  
4 deal with oil and gas. To analyze those for me, to tell  
5 me which were good, which were bad, which ought to be  
6 continued, and which ought to be dropped.

7 But more importantly, to go back and take off  
8 the shelf, any idea anybody ever had where we could play  
9 a part in trying to develop new science and technology  
10 that would be of assistance to your industry.

11 And so we charge you with that as well, tell  
12 us. What can we do to be of help? What consortium can we  
13 help form? What university can we help fund? What can  
14 we do of any program to help close the gap between the  
15 price and the need for production by increased  
16 technology?

17 And thirdly, I was at the White House last  
18 Friday and brought this up and suddenly the White House  
19 is beginning to look at the Admiral and myself as being  
20 real advocates for the energy industry because we were  
21 pointing out things to them that they have not heard in a  
22 long while. Such, as OPEC and the fact, that OPEC does,  
23 in fact, control prices when they wish and usually they  
24 wish. And the fact that our infrastructure of this  
25 country, as Bobby Parker is pointing out, is in serious



1 rate of decay.

2 We were, and I think still are, the leaders of  
3 the world in oil and gas technology and exploration and  
4 production. We cannot let that technology slip away.

5 You heard the Admiral's thoughts on technology.

6 So, the question is, are there markets closed  
7 to you around the world that we need to open for you and  
8 to help? And there is one country, in particular, that I  
9 was in a secret meeting at the White House, that I can't  
10 tell you which one where that is the case, and I made the  
11 point the National Security Staff made notations of that  
12 point, that that was something to consider.

13 And I said, look, if we don't have the  
14 abundance of exploration and production in this country,  
15 where is it going on in the world, and why can't  
16 Americans be doing it and American companies be doing  
17 it -- the service industry that Bobby talked about. And  
18 so we need your help there identifying those problems and  
19 those markets.

20 And that is just a start. There are many  
21 things where you can be of assistance of us, so don't  
22 wait until we task you, task us. It is a two-way street.

23 Come back and say Henson, you are all wet on this, or  
24 Admiral why don't you look into that? We are here and I  
25 think that you are going to find that we are going to be

1 a partner of yours, and we will be defending you and  
2 working with you when you are right and we will try not  
3 to throw stones when you are wrong, but be with us and  
4 give us your help.

5 And for those of you who don't know much about  
6 me, I was reared in the small town of Egberry, Louisiana  
7 on the Black Bayou oil field, where my daddy was a  
8 roughneck for Standard Oil and Gas Company and goes back  
9 a long time. Not even Lod Cook, who is one of Louisiana's  
10 most famous sons, I don't think knows where Egberry and  
11 the Black Bayou oil field is, but I did, that is all that  
12 I saw for a long, long time as I grew up.

13 Those feelings, those impressions, are forever  
14 embedded in my heart and soul. I just want you to know  
15 that for all of you who helped me for those many, many  
16 years, I am going to do everything that I can to never  
17 forget my roots and where I came from and how I can be of  
18 help to you.

19 Thank you very much.

20 CHAIRMAN COX: Thank you very much, Secretary  
21 Moore, we will look forward to being your partner.  
22 The main issue that the Council has dealt with  
23 this past few months, has been the NPC committee on  
24 petroleum storage and transportation. We are very  
25 indebted to Bill Swales of USX for having chaired this

1 committee and Reaid Jamin for being chairman of the  
2 coordinating subcommittee, for the amount of work that  
3 they have put in and your people who have helped in every  
4 way as well as those from the department, we are very  
5 indebted and I would like to call on Bill, right now, for  
6 this report.

7 STATEMENT BY WILLIAM E. SWALES, CHAIRMAN,  
8 COMMITTEE ON PETROLEUM STORAGE AND  
9 TRANSPORTATION.

10 MR. SWALES: Thank you very much, Mr. Chairman,  
11 ladies and gentlemen.

12 I see as usual when I get up to speak and give  
13 a report, everybody starts walking out of the room, so  
14 hold fast, would you please?

15 I am pleased to present for your approval this  
16 morning, our committee's proposal for a final report,  
17 entitled Petroleum Storage and Transportation. And as  
18 you know, this comprehensive report is being issued in  
19 five volumes. Volume I the Executive Summary; Volume II,  
20 Systems Dynamics; Volume III, Natural Gas Transportation;  
21 Volume IV, Petroleum Inventories and Storage; and Volume  
22 V, Petroleum Liquids Transportation.

23 The Council has approved Volumes III, IV, and V  
24 last December as an interim report. Today we are  
25 considering approvals of Volumes I and II, that, along

1 with the interim report volumes, constitute the final  
2 report of the committee. Drafts of Volumes I and II were  
3 sent within the last month to all council members for  
4 your review, and extra copies are in front of you.

5 Also, in front of you is a draft letter for  
6 transmitting the report to the Secretary. And by way of  
7 background, the National Petroleum Council's current  
8 study of U.S. petroleum inventories, storage and  
9 transportation, was initiated by a request from the  
10 Secretary of Energy for a comprehensive updating of the  
11 Council's 1979 report, Petroleum Storage and  
12 Transportation Capacities, and its '84 report, Petroleum  
13 Inventories and Storage Capacity.

14 The three volumes approved last December,  
15 essentially were a response to that portion of the  
16 Secretary's request. And additionally, the Secretary  
17 requested that the current study place more emphasis on  
18 describing the dynamics and interrelationships of the oil  
19 and natural gas delivery systems, particularly during  
20 periods of stress.

21 Volume II, System Dynamics is our committee's  
22 proposed response to this second portion of the  
23 Secretary's request. And for your reference, the  
24 Secretary's request letter is in Appendix A of the draft  
25 volumes before you.

1 I would like to now present a brief overview of  
2 the committee's overall report. A review of Volume I,  
3 the report of the executive summary, I think is a good  
4 vehicle to start from as it presents the study's primary  
5 conclusion and brief summaries of Volume II through V.

6 I will first cover the summaries in Volumes  
7 III, IV, and V to refresh our memories on these detailed  
8 documents. Then I will address with Volume II and finish  
9 with our conclusions.

10 Volume III, Natural Gas Transportation  
11 describes the industry as it exists today and analyzes a  
12 series of stress cases for 1992. Sections on the history  
13 of the industry and its changing regulatory environment  
14 are used to provide a prospective the analysis.

15 To establish baseline data for the analysis,  
16 the NPC surveyed approximately 80 natural gas  
17 transmission and storage companies to determine the  
18 capacities of major pipeline segments, interconnects and  
19 storage sites, as well as peak shaving LNG information.  
20 The surveys also collected data on the BTU content of the  
21 gas in each system and its relationship between average  
22 January day requirements, and peak January day  
23 requirements.

24 Most of the major interstate transmission  
25 companies and large storage companies responded.

1 Information available from the Federal Energy Regulatory  
2 Commission reports and America Gas Association  
3 publications, were utilized to supplement the data where  
4 necessary.

5 These data provide the basis for many of the  
6 maps and tabular material found in the Volume as well as  
7 the input to the linear programming model utilized in the  
8 analysis.

9 The ability of the natural gas pipeline network  
10 to satisfy demand, without considering fuel switching  
11 capabilities, was modeled under a set of cases, comprised  
12 of a typical winter, and a series of assumed stress  
13 conditions within a broad range of supply and demand  
14 projections. Conditions for both 1988 and 1992 were  
15 analyzed.

16 Load demand projections, 16.5 TCF, was derived  
17 from a forecast prepared by Data Resources Inc., and the  
18 high demand projection, 18.7 TCF was derived from an AGI  
19 forecast.

20 The low supply and high supply projections  
21 assumed annual lower 48 production to be in the range of  
22 15 to 17 TCF respectively. And rather than discuss the  
23 overall conclusions of each volume separately, they will  
24 be jointly addressed in the overall conclusions of the  
25 presentation.

1 Volume IV, Petroleum Inventories and Storage,  
2 analyzes inventory and storage capacities for crude oil  
3 and the principle petroleum products in the primary  
4 distribution system, the secondary distribution and the  
5 tertiary storage segment.

6 The object of the Volume was to determine the  
7 volumes of petroleum that could be available in an  
8 emergency, estimate new minimum operating levels for the  
9 primary system and determine the amount of petroleum  
10 storage capacity in the United States. Additionally, the  
11 impact of petroleum futures and forward markets and SPR  
12 on inventories were examined.

13 Much of this data was collected by the survey.  
14 And the primary distribution system is composed of  
15 refineries, pipelines, and terminals. Each of the 381  
16 companies in the primary system was surveyed for detailed  
17 information on inventories and storage. The secondary  
18 distribution system consisted of small bulk plants and  
19 retail motor fuel outlets. A statistical sampling  
20 technique was used to estimate inventories and storage  
21 capacities for bulk plants.

22 Approximately 2,000 of the 15,000 companies  
23 believed to be operating bulk plants were surveyed. And  
24 estimates for retail motor fuel outlets were based on  
25 published literature and discussions with industry

1 experts.

2 And the tertiary or consumer segment was  
3 divided into seven sectors: agriculture, commercial,  
4 electrical utility, industrial, military/government, and  
5 residential and transportation. And estimates of  
6 inventory and storage capacity were made using available  
7 public data.

8 The inventory and storage capacity estimates  
9 are compared to those in the NPC's '84 report and the  
10 changes along with the reason for the changes were used  
11 to describe the forces that shape inventory and storage  
12 management.

13 I would just like to pause now, if I could, and  
14 note that this Volume is dedicated to the memory of  
15 Donald Brenowitz, who passed away during the course of  
16 this study. Donald was with Shell for almost 32 years  
17 and he participated in previous NPC studies, as well as a  
18 member of the task group that prepared this Volume.

19 Don willingly contributed his experience,  
20 practical insight and good humor to all of us, and I  
21 think he will be missed.

22 Petroleum V, Petroleum Liquids Transportation  
23 presents information on all forms of transporting crude  
24 oil, refined petroleum products and liquified petroleum  
25 cases, the gases. These include pipelines, tankers, the



1 barges, tank trucks and rail cars. All data for  
2 pipelines were developed by an NPC survey of the major  
3 petroleum transportation companies in the United States.

4 Capacity data as of December 31st, '87, were  
5 collected from common carriers crude oil, petroleum  
6 products, LPG pipeline systems and were presented in the  
7 Volume. Nationwide maps of each of these systems are  
8 included.

9 For crude oil and product system, regional maps  
10 were prepared by the Petroleum Administration for Defense  
11 District in detail. Area maps for major refining and  
12 pipeline centers are also included.

13 In addition, capacity data, longitude and  
14 latitude data for pipeline receipt and delivery points  
15 were collected to aid the industry analysis and computer  
16 drafting some private, as opposed to common carrier  
17 pipelines are also included in the report.

18 And the crude oil field lines and gathering  
19 systems are excluded. The water borne transportation  
20 portion of the Volume updates the '79 NPC inventory of  
21 marine petroleum transportation equipment including U.S.  
22 Tankers and domestic inland waterways.

23 It also examines the waterway navigational  
24 structures, and constraints on the water borne  
25 transportation industry arising from the various

1 regulation and insufficient or outmoded inland waterway  
2 and harbor facilities. The tank car transportation of  
3 the section of the Volume analyzed the U.S. tank, truck  
4 and rail vehicles that might be called upon to safely  
5 haul petroleum products in the event of an emergency.

6 This completes my overview of the three Volumes  
7 we approved last December. Building on the detailed  
8 description and capacity data found in these volumes, the  
9 study groups then developed the two Volumes that you have  
10 before you today.

11 Volume II, System Dynamics, is a detailed  
12 analysis of how the U.S. oil and natural gas system  
13 works, both in normal times and during periods of stress,  
14 when unusual occurrences severely hamper normal systems  
15 operation.

16 The Volume summarizes major changes in the  
17 distribution system since '79, in the evolving petroleum  
18 industry conditions that stimulated these changes. The  
19 Volume assesses the adequacy of the oil and gas  
20 distribution system not only to meet current needs, but  
21 those arising from the Energy Information  
22 Administration's projections for 1992 of the oil and gas  
23 demand.

24 In this study, the oil and gas supply or  
25 distribution system definition was extended to include

1 refineries, imports, and trading as well as  
2 transportation and storage facilities. In describing how  
3 the system operates under normal conditions, the study  
4 summarizes these facilities and functions and briefly  
5 describes some of the economics that control their  
6 utilization.

7 Fuel switching and electric utility flexibility  
8 are also addressed. Numerous maps are also included. A  
9 major part of the systems dynamics volume is a detailed  
10 analysis of a range of possible industry responses to six  
11 unlikely but highly stressful situations. The supply  
12 system's ability to maintain consumer oil and gas supply  
13 under these stress conditions, now and in 1992 is  
14 assessed.

15 And also included is an examination of several  
16 recent actual stress situations as a background for the  
17 discussion of the hypothetical stress scenarios.

18 It is important to note, for those outside the  
19 industry that even under typical conditions, the system  
20 responds to a constant stream of minor stresses, such as  
21 refinery down time, missed pipeline deliveries,  
22 unexpected changes in weather, and occasionally the  
23 system is faced with more serious stress conditions. A  
24 degree of stress is normal in the industry but few stress  
25 situations result in serious supply problems.

1 In fact, the consumer rarely feels the impact.

2 The industry reactions of stress situations of all  
3 magnitude are the aggregate result of thousands of  
4 independent competing company decisions and reflect  
5 classic supply and demand economics.

6 Strained supply results in higher prices, and  
7 the higher prices call for incremental supply from a  
8 variety of sources that might not otherwise be  
9 attractive. Incremental oil and gas supply can come from  
10 storage, or peak shaving, imports, or increased refinery  
11 production.

12 Higher prices also make it economic to move  
13 product from adjacent areas, or to switch to alternate  
14 fuels. Let's now briefly discuss each of the six  
15 hypothetical scenarios and summarize our findings.

16 Scenario I examines a major oil import  
17 disruption and initiating a draw down to the strategic  
18 petroleum reserve. This scenario tests the system's  
19 ability to handle a 90-day disruption of foreign crude  
20 oil products imports, totalling 3 million barrels per day  
21 now, and 4.5 million barrels a day in 1992.

22 We believe that the combination of SBR  
23 inventory backup and the ability of the system to shift  
24 product from other parts of the system permit coping  
25 with even such large crude oil losses.

1           Scenario II tests how the supply system might  
2           cope with an unusually severe winter, with temperatures  
3           averaging 10 degrees colder than normal for 90 days or 20  
4           percent colder than normal for 30 days throughout the  
5           total nation.

6           We concluded that the current supply system  
7           with the improvements now in progress is fully capable  
8           of handling the severest weather conditions we have  
9           experienced in over 50 years.

10           Scenario III looks at a 30-day Canadian gas  
11           import disruption. This scenario analyzes the effect of  
12           a 50 percent loss in gas imports for the month of January  
13           at each of the five entry ports between Canada and the  
14           United States. The assumed reductions, for the purpose  
15           of this scenario, was about 2.3 billion cubic feet per  
16           day and we found that the system could weather the loss  
17           of 50 percent of the gas normally imported from Canada  
18           for 30 days without significant difficulty. However, the  
19           Canadian natural gas shutoff scenario may pose a  
20           temporary problem for the west coast, if sufficient  
21           natural gas is not in storage at the time of the  
22           disruption.

23           Scenario IV tests supply system capability to  
24           respond to a 30-day shutdown of a major midwest products  
25           pipeline. For the purpose of the study, we examined the

1 consequence of explorer pipeline being shut down and this  
2 pipeline delivers about 360,000 barrels per day to the  
3 midwest from the U.S. Gulf coast. This is an important  
4 products supply pipeline for a high consumption area.

5 We believe that the loss of a single pipeline  
6 into the midwest for a 30 day period, could be handled by  
7 a combination of normal industry operating practices.

8 Scenario V analyzes a shutdown of deliveries  
9 from the Trans-Alaska pipeline system for 30 days. TAPS  
10 is the largest through-put crude oil pipeline in the  
11 United States, carrying an average of about 2 million  
12 barrels per day for trans-shipment to the west coast,  
13 gulf coast, Virgin Islands, and Hawaii. This constitutes  
14 about 15 percent of the total U.S. crude oil demand.

15 We concluded that while a disruption of the  
16 TAPS would result in higher costs to the market place,  
17 essential supplies needed would be met assuming normal  
18 world crude oil supply availability especially in a  
19 current disruption. However, the loss of TAPS supply for  
20 30 days in 1992, could pose a substantial more serious  
21 problem, which could be felt by west coast consumers for  
22 several weeks.

23 The west coast resupply problem will become  
24 more difficult in later years, as projected Alaskan  
25 production drops and west coast consumption increases,

1 leaving significant less oil in transit to destinations  
2 east of the Rockies to provide continuity in the early  
3 days of the cutoff.

4 As all of us are well aware, this scenario  
5 unfortunately came close to reality a few weeks ago. And  
6 the transmittal letter before you discusses this matter,  
7 and I will address it a little later in my remarks.

8 Scenario VI examines the crude oil import  
9 disruption. This final stress scenario tests options  
10 available in a case of a 30-day disruption of Canadian  
11 crude oil imports delivered via interprovincial pipeline.

12 This would result in a 500,000 barrel per day  
13 crude oil loss in the upper midwest. We believe that for  
14 most of the midwest, the lost Canadian crude oil could be  
15 quickly replaced except for the Twin Cities area. By 1992  
16 projected growth in refining crude oil demand will make  
17 replacement of the Canadian volume in kind more  
18 difficult.

19 Incremental productions by product inventory  
20 draw would be required to bridge a 30-day loss of  
21 Canadian crude oil.

22 These brief summaries of how we could  
23 effectively handle these scenarios may give some of you a  
24 mistaken impression that solutions are simple. As we, in  
25 industry know, there are often are quite complex, as

1 described in detail in Volume I.

2 It is also important to recognize that these  
3 scenarios tested the ability of a system to move crude  
4 oil product and gas during periods of stress. In all the  
5 scenarios, supply was expected to be available in the  
6 system. The study did not consider situations that were  
7 beyond the practical ability of the system to solve.  
8 Such as, a situation that may trigger international  
9 obligations under the IEA treaty.

10 These are problems for governments to address  
11 with industry input. Even in these situations, the  
12 supply system would provide flexibility to efficiently  
13 distribute available supplies. This leads us to the  
14 report's primary conclusions.

15 In Volume II through V of this report, we have  
16 evaluated the past performance and future potential of  
17 the nation's oil and gas storage transportation systems.  
18 And the NPC study found that the nation's existing supply  
19 and storage system for both petroleum and natural gas to  
20 be both efficient, economical, reflecting the industry's  
21 highly competitive environment.

22 For this analysis we have drawn the following  
23 specific conclusions and because of their importance, I  
24 believe that they bear repeating verbatim.



1           The first conclusion concerns the status of the  
2           industry's infrastructure. And in looking ahead through  
3           the year 1992, the NPC concludes that the complex oil and  
4           natural gas supply and transportation and distribution  
5           network can continue to meet the nation's oil and gas  
6           needs.

7           Despite the turbulence of the past decade, with  
8           shifts in demand, volatile price swings, and declining  
9           exploration and production activities, and shifting  
10          product mix, the storage and transportation system was  
11          able to supply the nation's needs for oil and gas with  
12          minimal interruption or inconvenience to the consumer.

13          To ensure continued efficient service,  
14          economically feasible modifications and additions to the  
15          present network should be permitted, and made to the  
16          system that consists of crude oil product pipelines,  
17          natural gas transmission, rail and truck service, and  
18          terminals and storage. One exception, to privately  
19          financed expansions and modifications to maintain  
20          viability is needed for major public works investment to  
21          modernize and upgrade deteriorating and outmoded inland  
22          waterways and harbor facilities.

23          The study emphasizes the value of flexibility  
24          and interconnectability of the nation's current network  
25          of oil and gas national supply system, the storage and

1 the transportation system. This flexibility calls for  
2 prompt and efficient adjustment in response to either  
3 gradually shifting supply demand patterns or very abrupt  
4 changes in the market place.

5 The supply system has the ability to respond  
6 with a variety of alternatives to resolve potential local  
7 regional or national shortages.

8 The ability of the system to supply oil and gas  
9 to the consumer in an emergency is demonstrated by this  
10 study's analysis of a variety of unlikely to occur  
11 situations. And barring a severe disruption of the  
12 world's petroleum supply, extended supply shortfalls in  
13 the United States are extremely unlikely.

14 The second conclusion is on the role of market  
15 forces. The dynamics of the free market had been vital  
16 to the industry's successful performance in the past and  
17 will be equally critical in the future. Investments to  
18 accommodate changing supply patterns as well as  
19 readjustment to move volatile shifts in supply and demand  
20 patterns are more likely to occur promptly when free  
21 market forces are not distorted by price or allocation  
22 regulations or regulatory delays.

23 The major concerns raised in this study are  
24 possible constraints on the industry's ability to adapt  
25 to a changing business environment and they are generally

1 related to the uncertainties growing out of the ongoing  
2 or proposed legislative or regulatory initiatives.

3 The operation of the supply system is  
4 enormously complex and reflects the independence actions  
5 of thousands of individual companies, many of whom are in  
6 direct competition. Competing companies make independent  
7 decisions based on their own economics and their own  
8 views of the future. Nevertheless, the aggregated system  
9 reacts predictably to economic incentives.

10 History indicates that the system responds  
11 vigorously to fuel price differential as small as a  
12 fraction of a percent.

13 Our third conclusion is about the natural gas  
14 system. The ongoing process of deregulation is  
15 increasing competition within the natural gas industry  
16 and should ensure a flexible system that would allow  
17 natural gas to assume a growing role in meeting the  
18 nation's future energy needs.

19 The nation's natural gas delivery and storage  
20 system from well head to the ultimate customer, has  
21 demonstrated its ability to respond to changing regional  
22 demand patterns. Significant new natural gas markets are  
23 developing. Where the construction of new pipelines is  
24 required to serve these markets, such as the northeast,  
25 Florida and the west coast, numerous regulatory approvals

needs to be issued promptly to preclude bottlenecks.

And seasonal demand levels for gas fluctuate most dramatically and more dramatically than petroleum products and the system cannot rely on imports to meet peak demand levels. This results in the need for substantial peak storage at a significant capital inventory and operating cost.

A key issue is the allocation of these costs. And the nation's existing pipeline network has sufficient capability to meet natural gas demands through at least 1992, and this assumes that the supplies are available to fill seasonal storage at the beginning of the peak seasons. New pipeline debottlenecking, proposed by the industry are constructed without undue permitting difficulties or legislation problems. And supplies to customers with interruptable supply contracts may be curtailed during the peak days, however, for the longer term, the issue of storage must be addressed in order to assure that peak seasonal supplies will be available.

The fourth conclusion has to do with inventory levels and liquid petroleum inventory levels have proved to be an adequate cushion against short run supply and demand imbalances. Inventories of crude oil and the principle petroleum have declined slightly since 1983, and the study examined minimum operating inventories, the

1 level below which operating problems and shortages would  
2 begin to appear in the distribution system.

3 In aggregate, minimum operating inventories  
4 have changed less than 1 percent since 1983. The change  
5 in inventory levels that we see reflects more diversified  
6 domestic and global supply sources and the speed with  
7 which the system can respond in increasingly  
8 sophisticated inventory management.

9 Our fifth and final conclusion concerns the  
10 ability to the nation's petroleum distribution system to  
11 handle the release of SBR oil. The strategic petroleum  
12 reserve provides some valuable insurance against the  
13 major supply disruption and the NPC concurs with the  
14 Department of Energy policy of early and maximum release  
15 of SBR oil in an emergency situation.

16 A prompt decision to draw down the SBR oil is  
17 essential to minimize supply disruptions, as is the rapid  
18 implementation of the bidding award procedures. In the  
19 event of a major curtailment of crude oil imports, the  
20 nation's network of crude oil distribution and refining  
21 facilities has the capability of accommodating both the  
22 current 3.6 million barrels per day and the projected 4.5  
23 million barrels per day SBR draw down rates.

24 Pipeline and marine transportation allow the  
25 great majority of refining capacity to physically receive

1 SBR oil. Through trading SBR oil can, in effect, be made  
2 available to virtually every U.S. refinery.

3 This completes the review of the draft report,  
4 so let us now turn to the proposed transmittal letter.  
5 The purpose of this letter is to formally transmit this  
6 report to the Secretary of Energy, providing him with a  
7 brief overview of the report's principle conclusions. As  
8 you have just received the draft letter this morning, we  
9 will review it for a few minutes and you may want to  
10 follow along with the copy that is on your table.

11 The first paragraph presents our overall  
12 findings that the complex but flexible oil and natural  
13 gas supply and distribution network can be expected to  
14 continue to meet the nation's oil and gas needs under a  
15 wide range of conditions.

16 And the second paragraph describes, as I did  
17 earlier, how the system operates under normal and stress  
18 conditions. It highlights the dynamics of the system.  
19 And also, as I noted earlier, the recent disruption of  
20 the Alaskan crude oil supplies provided a real life test  
21 of the report's conclusions.

22 Therefore, I asked the study's coordinating  
23 subcommittee to take a quick look at what occurred in the  
24 west coast supply situation, recognizing that the facts  
25 are still emerging. We needed to be assured, that in

1 light of what occurred, the report's analyses are still  
2 valid and the answer is still definitely, yes.

3 The final paragraphs, I would suggest, rather  
4 than me read them, you can all take a few moments to read  
5 those vital paragraphs of the suggested letter. I don't  
6 think that there is any need for me to read them for you.

7 Obviously a report of this scope and depth  
8 required a significant commitment of resources at a time  
9 when we all had lean staffs and I would just like to give  
10 special thanks to all of those who made this commitment.

11 First, I would like to thank the members of the  
12 council for responding to the various surveys and for  
13 providing the personnel for the study groups. And our  
14 group was ably assisted by a coordinating subcommittee  
15 and four tasks groups.

16 I would like also to express my appreciation to  
17 DOE, particularly EIA, for their considerable support of  
18 the study effort. The dedication to this effort by all  
19 of the participants has been outstanding and I can  
20 personally attest to this dedication, having attended  
21 quite a few of the coordinating subcommittee meetings. I  
22 can't single out everybody, but I would just like to  
23 recognize the government co-chairman of the committee,  
24 Helmut Merklin, the Administrator of the Energy  
25 Information Administration and all of the other

1 government co-chairmen who so ably served on the  
2 subcommittee and the task groups.

3 The Chairman of the coordinating subcommittee,  
4 Riyad Amin, president of Marathons Emerald Marketing;  
5 Chairman of the systems dynamic task group, Dave Hayward,  
6 vice president of supply Mobile; the chairman of the  
7 natural gas transportation task group, Ron Burns, the  
8 president of interstate pipelines at Enerod; the chairman  
9 of inventories and storage task group, Bruce Rollick, the  
10 vice president of supply and transportation at Chevron;  
11 and last but certainly not least, the chairman of the  
12 liquids and transportation task group, Don DeBars, the  
13 president of Santa Fe Pacific Pipelines.

14 Mr. Chairman, this completes my presentation  
15 and I move that the National Petroleum Council adopt the  
16 proposed transmittal letter and the five Volume report of  
17 the committee on Petroleum Storage and Transportation,  
18 subject to final editing as its complete response to the  
19 Secretary of Energy's request.

20 CHAIRMAN COX: Thank you, Bill.

21 Do we hear a second?

22 VOICE: I second it.

23 CHAIRMAN COX: Is there any discussion?

24 Ed?



1 VOICE: I would like to congratulate this  
2 committee on the extensive work that they have done. I  
3 will confess I have not read every line in these reports.  
4 And maybe there are others here that have done so.

5 It seems to me that we have responded to what  
6 Secretary of Energy asked in 1987 but Bill Swales made  
7 mention of the fact that the reports does not cover the  
8 whatever the sharing arrangements we have under the  
9 international energy treaty in the event of an import  
10 supply disruption of some proportion, other than Trans-  
11 Alaska pipelines.

12 And I, for one, do not have a clear idea of  
13 what commitments this nation has made as to the draw down  
14 of the SPR on what might be within our boundaries a minor  
15 supply disruption. But as we know, Europe and Japan are  
16 far more dependent on OPEC oil than we are and on the  
17 assumption that if there were a major supply disruption  
18 in the world, it would affect them far more than it does  
19 us.

20 We are involved somehow in a sharing  
21 arrangement that I don't understand and that would make  
22 the probability of the effects on our SPR much more  
23 probable than we might otherwise think. And this is an  
24 answer that the State Department and our Department of  
25 Energy, they know what commitments, what practical

1 commitments we have made and I for one, would like to see  
2 a statement coming out of our government that would best  
3 help us to understand how deep in the soup we might be.

4 CHAIRMAN COX: Well, Ed, I think your request  
5 is in line with what Secretary Watkins would be asking  
6 for us and things like that and I believe that Allen  
7 Wampler is the man to carry this message back and I think  
8 your comment is very good. So thank you.

9 Any other comments or questions?

10 Yes, sir?

11 MR. LIGHTBLAU: Having testified yesterday at  
12 the hearing on the Senate, I am a little puzzled about  
13 one sentence in here. Price will be a necessary and  
14 effective mechanism to balance supply and demand. That  
15 was exactly what came up yesterday.

16 The question was, did gasoline prices rise as a  
17 result of the Alaska oil spill and this sentence could be  
18 misinterpreted by saying, yes, they what was necessary.  
19 Our thought at the hearing was that gasoline prices rose  
20 because of a very sharp increase in crude oil prices well  
21 before this, but this sentence seems to me to be used in  
22 some way.

23 MR. SWALES: John, you are no doubt right. If  
24 you look at the trends, the gasoline prices started  
25 rising before the disaster in Alaska due to the crude oil

1 prices that had gone up about \$5 a barrel and -I think  
2 that we might have to look at that sentence in view of  
3 your comment on it, and your testimony as of yesterday.

4 Yes, we will look at that.

5 CHAIRMAN COX: The committee will look at that,  
6 and that is a good point.

7 Any others?

8 We have a motion and a second, all in favor of  
9 the approval of the report subject to final editing and  
10 subject to this final comment there, all in favor say,  
11 aye.

12 (A chorus of ayes.)

13 CHAIRMAN COX: Opposed?

14 (No response.)

15 CHAIRMAN COX: The motion carries. Thanks again  
16 Bill, and everybody in the government, the Department and  
17 everybody else for this.

18 And I know that Allen Wampler will carry this  
19 message to the Secretary.

20 We have two administrative matters this morning  
21 which we would like to cover briefly. One, John Hall of  
22 Ashland could not be here today so I will report on his  
23 behalf as chairman of the finance committee, which met  
24 this morning. We reviewed the calendar years 1988 and  
25 1987 audit reports with representatives of Arthur Young

1 and we also reviewed the extended years for the first  
2 three months for the calendar year, '89 and I am happy to  
3 report to you that the financial condition of the Council  
4 is sound and the accounting controls and procedures  
5 received excellent remarks.

6 And you may recall in December 1988, you  
7 approved by letter ballot, the finance committee's  
8 recommended calendar year 1989 budget in the amount of  
9 \$1,655,000 and the committee does not recommend any  
10 change in this budget. But it should be pointed out that  
11 this is a 5 percent reduction from 1988 and a total  
12 reduction of 22 percent during the last four years.

13 In December the finance committee also  
14 recommended surveying the membership for more current  
15 data to ensure that individual suggested computations are  
16 contributions are computed equitably. And currently the  
17 individual contributions are based on 1984 and '85  
18 production and sales volumes. So your prompt response to  
19 this survey will be greatly appreciated when you receive  
20 it.

21 This morning, the finance committee did,  
22 however, recommend that the total level for the  
23 membership contributions for the period July 1, 1989  
24 through 1990 will be the same as last year, however,  
25 individual member contributions may vary based on the new

1 survey data.

2 This completes the report of the finance  
3 committee, and on their behalf I move that this report be  
4 adopted by the Council.

5 Do I hear a second?

6 VOICE: I second it.

7 CHAIRMAN COX: Are there any questions or  
8 comments.

9 (No response.)

10 CHAIRMAN COX: If not, all in favor, say aye.

11 (A chorus of ayes.)

12 CHAIRMAN COX: Opposed?

13 (No response.)

14 CHAIRMAN COX: Thank you very much.

15 Collis Chandler has done yeoman service to the  
16 chairman of the nominating committee and I would like to  
17 call on Collis at this time, if I may.

18 MR. CHANDLER: The nominating committee of the  
19 National Petroleum Council met yesterday and agreed on  
20 the following nominations for officers, for chairman,  
21 members of the agenda and appointment committees for the  
22 Council.

23 For the agenda committee, the nominations are  
24 as follows: Ralph Bailey, Bill Carl, Myself, Ken Der,  
25 Bill Fisher, Ken Lay, John Miller, Dick Moral, Larry

1 Rohl, Pete Syllis, and Frank McPherson serving as  
2 chairman.

3 For the appointment committee, the nominations  
4 are as follows; Tom Cruckshank, Bob Hotpur, A.V. Jones,  
5 Jim Bob Moffit, Dean Onokendris, Bobby Parker, Frank  
6 Richardson, Dick Segemeyer, Joe Williams, Irene Wisher,  
7 and Bob McClements serving as chairman.

8 For NPC chairman, Lodwrick M. Cook, for NPC  
9 vice chairman, Rail Hunt.

10 Mr. Chairman, I move that the Council elect the  
11 foregoing for 1989.

12 CHAIRMAN COX: Thank you for the motion, do I  
13 hear a second?

14 VOICE: I second it.

15 CHAIRMAN COX: Are there any other motions or  
16 nominations, if not, all in favor of the nominations as  
17 submitted by Collis, please say, aye.

18 (A chorus of ayes.)

19 CHAIRMAN COX: Opposed?

20 (No response.)

21 CHAIRMAN COX: Thank you, very much, Collis,  
22 and I want to thank all of you for allowing me to be your  
23 chairman these last two years, and I have enjoyed it  
24 immensely and the important thing that I have learned  
25 these last two years is the contribution that each one of

1           you makes. You make suggestions and you have made a  
2           major help to the efforts of the council and to this  
3           government.

4           So I want to thank you for the help you gave  
5           me, but especially I want to thank Lod Cook who is going  
6           to be your new chairman, because he was always there  
7           when I needed him and that was frequently and his advice  
8           and counsel was great. So I think that the council is  
9           blessed by having Lod as its new chairman and Ray as its  
10          vice chairman. So at this time, I would like to call on  
11          Rod and say thanks again, and am delighted that he is  
12          going to be taking the mantle today.

13          Lod?

14          MR. COOK: Thank you, my remarks will be very  
15          brief. First of all we want to thank you for your two  
16          years of leadership through a very difficult time for  
17          industry and let's give Ed a big round of applause.

18          (Applause.)

19          MR. COOK: And although Ed thanked Bill, I  
20          don't think that we gave him a round of applause for his  
21          great work on that fine report.

22          Ed has assured me that the salary and perks  
23          that he has enjoyed that I will continue to enjoy in this  
24          job. It is a very exciting time for us, and I look  
25          forward to working with Ray Hunt, our new vice chairman,

1 with all the committee chairmen and the members, and  
2 Marshall and the staff and all of you.

3 I know that most of you know Ray but I would  
4 like for him to stand and be recognized as well. We have  
5 a new Administration. And we have what I think we can  
6 easily see a new dynamic leadership in the Department of  
7 Energy and we are going to be asked to do and participate  
8 more than we have in the recent past and I think that we  
9 will be responding to that very actively. The Secretary  
10 and the Deputy Secretary is certainly going to be more  
11 proactive, and they are strategic thinkers and I think  
12 that is going to be very useful for us in order to be  
13 heard to a greater extent than perhaps has been the case  
14 in the past.

15 I look forward to the challenge, and I know you  
16 do too. I will need your help and I will be calling on  
17 you and I thank you very much for your support and I look  
18 forward to working with you.

19 CHAIRMAN COX: Lod, we are looking forward to  
20 your leadership. You might make a note of the next  
21 council meeting has tentatively been scheduled for  
22 October 10, with a reception the evening before. You  
23 know, sometimes these have to be tentative as we are  
24 waiting for the final date from the Secretary in each  
25 case, but those are the dates that have been recommended



1 and I think that they will be approved.

2 Are there any other matters that should come  
3 before the council at this time?

4 (No response.)

5 CHAIRMAN COX: The council will adjourn and we  
6 will look forward to seeing you in October, and Bill  
7 Swales will be here if anybody has any questions about  
8 the report, as well as Riyad.

9 Thank you all very much, the meeting is  
10 adjourned.


11 (Whereupon, at 10:40 a.m., the meeting was  
12 adjourned.)

1  
2 REPORTER'S CERTIFICATE  
3

4 This is to certify that the attached proceedings  
5 before DEPARTMENT OF ENERGY

6  
7 in the matter of: NATIONAL PETROLEUM COUNCIL  
8  
9

10  
11 were held as herein appears and that this is the original  
12 transcript thereof for the file of the Department  
13 or Commission.  
14  
15

16  
17   
18 Official Reporter  
19

20 DATE: APRIL 18, 1989  
21  
22  
23  
24  
25